

UNITED STATES OF AMERICA
ENVIRONMENTAL PROTECTION AGENCY
BOSTON REGION

In the Matter of:

PUBLIC HEARING:

RE: NOTICES OF INTENT SUBMITTED BY OPERATORS SEEKING
AUTHORIZATION TO DISCHARGE STORMWATER UNDER THE U.S. EPA
NATIONAL POLLUTANT DISCHARGE ELIMINATION SYSTEM (NPDES)
SMALL MUNICIPAL SEPARATE STORM SEWER SYSTEM (MS4) GENERAL
PERMIT

OPERATORS:
Massachusetts Highway Department
Massachusetts Turnpike Authority

Worcester Public Library
3 Salem Square
Worcester, Massachusetts

Friday
February 17, 2006

The above entitled matter came on for hearing,
pursuant to Notice at 9:15 a.m.

BEFORE:

DAVID WEBSTER, Chief
DAVID J. GRAY, PE
Office of Ecosystems Protection
U.S. Environmental Protection Agency
New England Region 1
One Congress Street, Suite 1100
Boston, MA 02114

I N D E X

<u>SPEAKERS</u>	<u>PAGE</u>
David Webster	3
<u>PUBLIC</u>	
Henry Barbaro	7
Rick McCullough	8
Peter A. Angelini	9
Andrea Donlon	12
Eloise Lawrence	18
Kate Bowditch	24
Jamison Colburn	33
Roger Frymire	38

P R O C E E D I N G S

(9:24 a.m.)

MR. WEBSTER: Good morning, ladies and gentlemen.

This morning's hearing concerns the Notices of Intent, which summarize Stormwater Management Plan submitted by the Massachusetts Highway Department and the Massachusetts Turnpike Authority, for coverage under the National Pollutant Discharge Elimination System, or NPDES, general permit for stormwater discharges from small municipal separate storm sewer systems, sometimes called Small MS4s.

This hearing shall come to order. My name is David Webster. I'm the Chief of the Industrial Permits Branch with the New England Region of the United States Environmental Protection Agency, or EPA. The other member on today's public hearing panel is David Gray, with the Stormwater Water Program for EPA New England.

I will, briefly, describe the background for this hearing, as well as explain how the hearing will be conducted.

EPA has authority under Section 402 of the Clean Water Act to issue permits to regulate, among other things, certain stormwater and wastewater discharges from point sources in the waters of the United States.

On May 1, 2003, EPA New England issued a general permit for stormwater discharges from small municipal

1 separate storm sewer systems, or MS4s, in Massachusetts. In
2 order to obtain authorization to discharge under this
3 general permit, operators of Small MS4s were required to
4 submit a Notice of Intent by July 30, 2003.

5 The Notice of Intent summarizes how the operator,
6 or in these cases, the Massachusetts Highway Department and
7 the Massachusetts Turnpike Authority, will implement the
8 Stormwater Management Program required by the general
9 permit. The Stormwater Management Program provides
10 additional detail on how these organizations will manage
11 their stormwater and comply with the permit's conditions.

12 On November 2, 2005, EPA made available for public
13 comment several Notices of Intent received by the agency,
14 including those submitted by the Massachusetts Highway
15 Department and Massachusetts Turnpike Authority.

16 The agency received comments and requests for
17 public hearings from several persons. Based on the
18 significance of the public interest, this hearing is being
19 conducted by EPA in order to receive additional public
20 comment on these Notices of Intent submitted by the
21 Massachusetts Highway Department and the Massachusetts
22 Turnpike Authority.

23 Copies of the Notices of Intent are available here
24 today at the table near the door, at the back of the room.
25 We've also provided copies of several fact sheets that

1 explain the municipal stormwater permitting program.

2 Those, too, available at the table.

3 The Stormwater Management Program documents
4 prepared by the Massachusetts Highway Department and the
5 Massachusetts Turnpike Authority are available at the
6 Region 1 Web page, and I'll give you the Web page name, but
7 I'm sure it's in the fact sheets as well back there,
8 www.epa.gov/ne/npdes/stormwater/index.html.

9 We are accepting oral statements, but to ensure
10 accuracy, all lengthy comments should be submitted in
11 writing. Oral statements should also summarize extensive
12 written material to allow time for all interested parties to
13 be heard. Both, oral and written comments received today,
14 as well as those written comments submitted during the
15 public comment period, will be fully considered by EPA.

16 The agency intends to seek input from the
17 Massachusetts Highway Department and the Massachusetts
18 Turnpike Authority on the comments so that EPA is fully
19 informed about any issues raised by the comments.

20 After evaluating information from the commenters
21 and the Massachusetts Highway Department and the
22 Massachusetts Turnpike Authority, EPA will determine whether
23 any changes are necessary in those operators' Stormwater
24 Management Programs. We will make available information
25 that results from our evaluation on the EPA Region 1

1 stormwater Web site.

2 This is an informational non-adversarial hearing
3 without cross-examination or other inquiry of either the
4 commenters or the panel. We, as the panel, will confine our
5 questions to point of clarification for the record.

6 This public hearing is being recorded. All the
7 comments received, recordings and supplemental materials are
8 open to the public and may be inspected during normal
9 business hours at EPA's Boston office.

10 The public comment period closes tonight,
11 midnight, February 17, 2006, unless extended by the hearing
12 officer prior to the closing of the hearing today.

13 Let me say a little bit about the order of the
14 comments that I intend to use. First, I will allow, both,
15 the Massachusetts Highway Department and the Massachusetts
16 Turnpike Authority to make a short concise presentation, if
17 they wish, and then any, first, any federal, state or local
18 elected officials, then any other agencies, public agencies,
19 then general members of the public audience.

20 I'll use the attendance cards to call on people
21 who wish to comment. If I call on you, let's make sure I
22 get your name right for the record, and the speakers should
23 come to the podium to speak. I ask that, when you speak,
24 you identify yourselves and your affiliation.

25 I'm going to start by asking of representatives

1 from either Mass. Highway or Mass. Turnpike Authority wish
2 to speak at this time. I'll also give you an option at the
3 end of the program as well.

4 Go ahead.

5 MR. BARBARO: Good morning. My name is Henry
6 Barbaro. I supervise the Wetlands Unit of the Mass. Highway
7 Department, and I guess I really didn't prepare for
8 speaking. I thought I was going to be just strictly
9 listening, but one thing I want to point out about the
10 comments in -- the written comments that I've seen is that
11 it seems like a whole lot of them are based on
12 interpretation of the NPDES Phase 2 requirements, so Mass.
13 Highway looks to EPA to, you know, deliberate and clarify
14 those points, and I think some of the comments are just
15 strictly, you know, a difference in interpretation.

16 I guess I could add one other thing. Once EPA, or
17 during this process, you know, Mass. Highway would be
18 willing to meet with interested parties and try to resolve
19 some of these issue. Again, it seems like there's just some
20 questions of interpretation and understanding of the
21 requirements, so that's all I have to say for now.

22 Thank you.

23 MR. WEBSTER: Thank you, Mr. Barbaro.

24 Is there a representative from Mass. Turnpike that
25 wants to say something at the outset?

1 MR. McCULLOUGH: Thank you, Henry.

2 My name is Rick McCullough, from the Massachusetts
3 Turnpike Authority. I direct the Environmental Engineering
4 Department that prepares and implements the Notice of
5 Intent.

6 I just wanted to say really, in brief, that the
7 Mass. Turnpike Authority supports, fully supports, the Clean
8 Water Act regulations, as well as -- and has submitted our
9 Notice of Intent, obviously, in respect to that. We have
10 also submitted supporting material annual reports as
11 required by the regulations.

12 The implementation of the work, we felt, is an
13 ongoing process. I think that's one thing that commenters
14 could consider, is while the Notice of Intent application
15 has data in it, you know, where three years into this
16 process, and we've gone a long way since then in this
17 flexible type permitting process that's ongoing continually
18 improving.

19 Again, we're here just pretty much like Henry, to
20 listen to the comments, get an idea what's, you know, what
21 everybody has besides written comments that we've received
22 to date.

23 Thank you.

24 MR. WEBSTER: Thank you very much, Mr. McCullough.

25 I'm going now by the cards. If you just signed in

1 to register and don't want to speak, you're certainly
2 willing to say that as well.

3 Linda DiMizeo?

4 (Pause.)

5 MR. WEBSTER: Okay. David Harris, Worcester DPW?

6 (Pause.)

7 MR. WEBSTER: Okay. Peter Angelini, from the
8 Leominster Land Trust.

9 MR. ANGELINI: Good morning. Thank you for the
10 opportunity to comment.

11 Again, my name is Peter Angelini, Executive
12 Director of the Leominster Land Trust, and over the past
13 couple of decades, beginning as a member of the Leominster
14 Conservation Commission, we tried to, at least, develop a
15 relationship, a working one, with Mass. Highway to identify
16 some serious problems, one of which affects and outstanding
17 resource water known as the Notown Reservoir, primary
18 drinking water supply for our community, provides nearly
19 70 percent of the drinking water for the community.

20 We also, the Land Trust owns a 35 acre pond called
21 Pierce Pond, in Leominster, that is fed by Monoosnoc Brook
22 which begins at the headwaters of Notown Reservoir, and over
23 the years, we've seen degradation of, both, Monoosnoc Brook
24 and Pierce Pond as a result of just increased sand and
25 sodium treatments.

1 The brook trout population has disappeared. We've
2 a delta that formed at the confluence of Monoosnoc Brook and
3 Pierce Pond. The sand deposition is over 6 feet deep. You
4 can't even get a kayak from the mouth of the brook into the
5 pond any longer.

6 So I would hope that, as a good faith effort,
7 along with these current recommendations, that a plan be put
8 together with a compliance officer, someone who's
9 responsible for compliance and someone who will, also, act
10 to adopt a plan which will help remediate some of the damage
11 that's been caused over the past couple of decades.

12 To me, you know, the new stormwater policy is a
13 great start, but we have agencies that don't recognize the
14 Clean Water Act, and I think we're fooling ourselves if we
15 think they're going to comply with these new stormwater
16 regulations.

17 So I'd just ask you to, please, consider some type
18 of a compliance official that public non-profits and other
19 interested parties can contact, and we don't have to go
20 through this bureaucratic process, the BEP contacts local
21 Conservation Commissions and moving up the food chain to EPA
22 over issues that should be resolved immediately. They
23 shouldn't take years and decades to resolve.

24 There should be someone that could be contacted
25 that can come out to the site, identify the problem and put

1 together a plan for remediation, and I think if you can
2 employ that component in the stormwater, these new
3 stormwater management rules, that I think we're going to
4 have a much better chance of success and to try to clean up
5 some of this damage.

6 Again, we had a beautiful brook where a cobble
7 bottom supported a brook trout population. Now, the entire
8 bottom of the brook is comprised of sand, and you know,
9 during the winter and spring months, I would say that it's,
10 basically, brackish water, there's so much salt being
11 deposited along the highway system at 17 outfalls.

12 And we met with Mass. Highway about 18 months ago,
13 a wonderful young lady, very cordial. She came out, walked
14 the one mile stretch of Monoosnoc Brook with us. We
15 identified the 17 outfalls. We even offered -- we had a
16 corporate sponsor, we thought we had an innovative
17 remediation project. We were going to build some head walls
18 on a steep bank, and we could actually get in there
19 physically with our volunteers and do the maintenance,
20 remove the sand before it entered Monoosnoc Brook, and we
21 were willing to pay for half the cost of it.

22 We thought it was an innovative pilot program that
23 could be adopted throughout the state, and after what we
24 thought was a very productive meeting, the communication
25 ended. We never heard from Mass. Highway again, and we

1 contacted that official and, apparently, you know,
2 priorities changed.

3 So, you know, I've been doing this quite a while,
4 maybe to the point of becoming frustrated, and I hope that
5 that's what you're sensing from my words this morning
6 because I am frustrated, and I think it is time for us to
7 take a logical approach, something with teeth, and we need
8 enforcement as well, and if we are serious about this,
9 stopping the degradation of our water supplies, then that's
10 what we'll do.

11 Thank you very much.

12 MR. WEBSTER: Thank you very much.

13 Andrea Donlon, from Connecticut River Watershed
14 Council.

15 MS. DONLON: Hi. Thank you.

16 My name is Andrea Donlon, and I'm with the
17 Connecticut River Watershed Council. We submitted a comment
18 letter back during the original comment period, and I have
19 some additional comments today, and I, mainly, had the
20 opportunity to review the Mass. Highway NOI, but some of my
21 comments pertain to the, the Turnpike and Mass. Highway.

22 As we all know, the NPDES Phase 2 regulations are
23 new, and we're pretty much in uncharted territory, so we
24 really appreciate being able to be a part of the public
25 process in reviewing these NOIs.

1 We're also sympathetic to the municipalities
2 having to comply with this new regulation, and in many
3 cases, people feel that it's, you know, an unfunded mandate
4 that they weren't expecting to spend money towards, and some
5 of the expectations of what the NOI means and says may not
6 have been entirely clear, and I think, you know, and I've
7 looked at a bunch of different NOIs. Many of them list, in
8 their BMPs, existing programs rather than new things, and
9 some of them have had goals that were somewhat vague.

10 We're also aware that the MS4 NOI doesn't require
11 numerical limitations which allows flexibility, and that's a
12 good part of the regulation. However, the MS4s are required
13 to reduce the discharge of pollutants, what's called to the
14 maximum extent practicable, and EPA in memoranda have
15 regarded this as sort of an iterative process.

16 So, I think the question to be answered is whether
17 or not Mass. Highway complies with the regulatory
18 requirements of the NOI and the spirit of the regulation in
19 this first five years of the new permits, and we argue that
20 the NOI is insufficient in certain areas, especially, given
21 Mass. Highway's breadth and significant potential to effect
22 water quality statewide.

23 In the Connecticut River watershed, the urbanized
24 area around Springfield, I-91 and Route 5 runs, roughly,
25 parallel to the Connecticut River, and the Mass. Turnpike

1 runs pretty much parallel to the Chicopee River and then the
2 Westfield River, which are tributaries to the Connecticut
3 River.

4 Looking at the big picture, EPA has identified
5 non-point source pollution as the largest source of water
6 pollution in the country. Roads and highways are one source
7 of runoff pollution, and Mass. Highway maintains thousands
8 of miles of road.

9 The major contaminants of interest in highway
10 runoff are de-icers, nutrients, metals, petroleum related
11 organic compounds, sediment washed off from the road surface
12 and agricultural chemicals used in highway maintenance.
13 Impervious surfaces, also, contribute to an increase in
14 temperature in water reaching rivers and streams, and
15 temperature pollution can have an effect on biological
16 receptors.

17 Whether or not water bodies in Massachusetts have
18 been impacted by Mass. Highway or the Turnpike Authority is
19 not fully researched, although the U.S. Geological Survey,
20 Mass. Highway and the Federal Highway Administration have
21 been studying this topic, and one literature review has
22 identified that there are some constituents of highway
23 runoff in receiving waters near highways found in the
24 tissues of aquatic biota, although those are not necessarily
25 toxic to the biota.

1 So, will the BMPs listed in Mass. Highway's NOI
2 and described in the Stormwater Management Plan or the SWMP
3 actually serve to improve and protect water bodies in the
4 Commonwealth? It's our opinion that Mass. Highway's NOI is
5 written in a way that it will be difficult to determine
6 that, and the measures will not necessarily result in
7 protection or improvement of water quality.

8 For example, in the source control related BMPs,
9 in Minimum Control Measure 6 under good housekeeping, many
10 of the measurable goals are to continue to support such and
11 such a program, and in Mass. Highway's second annual report
12 to EPA on the progress of its NOI, they reported that, you
13 know, Mass. Highway continues to support this program. What
14 does support mean, and does supporting a program actually
15 result in water quality protection and improvement in a way
16 that you could actually measure it?

17 The SWMP identifies ways that Mass. Highway is
18 addressing salt and sand control, for example. Mass.
19 Highway states that they have reduced the amount of sand
20 applied to state roadways by more than 50 percent over the
21 last two years. I was curious if this reduction reflected a
22 permanent systemwide paradigm shift in sand usage.

23 So, I contacted Mass. Highway and got data from
24 2000 to 2005 e-mailed to me for statewide salt and sand
25 usage and District 2, which is the Connecticut River Valley.

1 I have some graphs that analyze this data, and
2 from looking at the graphs, I'm not sure which two years
3 Mass. Highway was referring to, and of course, the salt and
4 the sand application is based on weather conditions, which
5 vary year to year, but if you compare the information, the
6 winters of 2002 to 2003, the salt use was about the same as
7 2004 to 2005, but the sand was actually 2,300 tons higher in
8 the later year, 2004/2005, and in District 2, there was one
9 of those similarities, but the sand use went down in the
10 later year.

11 So, there are some signs of declining sand use,
12 but a clear trend is not apparent. One measure of the sand
13 use as compared to salt use is a ratio of tons of salt to
14 tons of sand use, and I have a graph here showing those
15 ratios, and you would expect, if sand use comparatively
16 declined, you would see the ratio between salt and sand get
17 higher and higher, and in District 2, this was the case
18 between 2001 and 2004, but the last winter, 2004/2005, was a
19 return to heavier sand use, and statewide, there are no
20 clear trends in the ratio.

21 So, I would say, based on the data I received,
22 it's not conclusive that sand use is consistently being
23 reduced, and we recommend that Mass. Highway look at root
24 causes of that. Training may be a good tool, but if there's
25 a built-in preference for highway contractors to spread

1 potentially unnecessary quantities of salt and sand, and I
2 don't know if that's the case or not, but it would be useful
3 to look at that. I know I've seen, you know, salt just, dry
4 salt sitting there for weeks, which may or may not have been
5 too much salt and sand as well, but it's unlikely that water
6 quality improvements will actually be realized.

7 We're glad that Mass. Highway has identified the
8 use of herbicides in their source control housekeeping
9 measure. They've developed a Vegetation Management Plan
10 that uses integrated pest management in an effort to use
11 herbicides and pesticides as little as possible.
12 Unfortunately, though, the only goal associated with source
13 control of pesticides in the NOI is the development of this
14 plan, so we recommend that a goal related to the actual
15 usage of pesticides be added or considered, at least.

16 So, in conclusion, we think that it's be more
17 effective if, both, Mass. Highway and the Turnpike Authority
18 took a step back and identified the potential pollutants
19 from highway runoff and then identified the BMPs and
20 measurable goals designed to really reduce the discharge of
21 these pollutants, but this NOI is a very important first
22 step in thinking about stormwater.

23 Also, I'd like to offer that, if Mass. Highway
24 would like to pilot a road and watershed in which to
25 implement mapping, assess affected waters and identify

1 endangered species, since that hasn't fully happened yet.
2 We suggest using the I-91 and Route 5 corridor that runs
3 parallel to the Connecticut River. Connecticut River is a
4 water quality impaired water body already. It will be
5 needing TMDLs.

6 And the short-nosed sturgeon is a fish that lives
7 in the Connecticut River in this section of the river, in
8 the urbanized area. It's also home to the Atlantic salmon,
9 and thousands or millions of federal dollars have gone into
10 restoring this fishery, and bald eagles catch fish from this
11 area as well, so this would be an ideal area to prioritize
12 and focus on.

13 Thank you.

14 MR. WEBSTER: Thank you very much.

15 Eloise Lawrence, from the Conservation Law
16 Foundation.

17 MS. LAWRENCE: Hi. My name is Eloise Lawrence.
18 I'm staff attorney at the Conservation Law Foundation. CLF
19 appreciates EPA's decision to hold this public hearing about
20 this important subject of Mass. Highway and the Mass.
21 Turnpike Authority, of their Notices of Intent to discharge
22 stormwater under the general permit.

23 Generally, as you know, we submitted comments,
24 written comments, on December 1, 2005, so we'd just like to
25 highlight a few certain items and, hopefully, be as brief as

1 possible.

2 Generally, we feel that the Notices of Intent and
3 the Stormwater Management Plans do not comply with the
4 general permit, and we do not believe that they will be in
5 compliance with water quality standards by the end of the
6 permit term, as CLF believes that they are required to do.

7 Furthermore, the discharges, any discharges that
8 would cause or contribute to in-stream exceedences of water
9 quality standards, are simply not eligible for coverage
10 under the general permit. More specifically with respect to
11 the NOIs, the Mass. Highway and the Mass. Turnpike's NOIs
12 fail to identify adequate best management practices and
13 measurable goals for many of the minimum control measures.

14 In particular, I'd like to focus on the minimum
15 control measure of pollution prevention and good
16 housekeeping. Based on what the Mass. Turnpike Authority
17 filed, it appears that they have no stormwater pollution
18 prevention plan to speak of. This glaring omission means
19 that the Mass. Turnpike Authority has no specific policy in
20 place to reduce sand and salt applications.

21 EPA, as you know, has clearly identified the harms
22 of too much salt and sand. Salt can contaminate drinking
23 water and surface water causing harm to, both, humans and to
24 aquatic life. Salt damages soil and vegetation along
25 roadways and causes erosion. Sand clouds water and hurts

1 aquatic life, and sand also can become very fine dust and
2 act as a pollutant to humans and exacerbate problems such as
3 asthma.

4 EPA, as a result, as recommended four concrete
5 actions to mitigate these harmful effects: the use of right
6 material, the use of the right amount, apply at the right
7 place and apply at the right time.

8 The Mass. Turnpike Authority has identified no
9 best management practices or measurable goals to implement
10 these actions. They simply reference "Stormwater Management
11 Prevention Plan." It does not appear to exist, so we,
12 obviously, believe that this is a major failing of their
13 submission.

14 As to the Mass. Highway Salt Management Plan, on
15 paper, it follows the recommendation of the EPA, but we are
16 concerned about practice. We want to make sure that the
17 Mass. Highway Department is responsible to local concerns
18 about contamination of drinking water and surface water from
19 salt on the roadways. Specifically, we've heard from towns,
20 such as Upton, who have repeatedly expressed concern about
21 salt contamination, and we've also heard more today.

22 With respect to sand, specifically, the best
23 management practices indicates that, according to the plan,
24 that street sweeping will happen once a year. We feel that
25 this is far too infrequent, especially, in priority areas

1 where they're near impaired waters or drinking water
2 supplies.

3 The Mass. Highway and the Mass. Turnpike Authority
4 also failed to identify control measures and best management
5 practices to control pollutants of concern into waters
6 impaired by those pollutants, as required by the general
7 permit.

8 The Mass. Turnpike Authority and the Mass. Highway
9 lands and roadways discharge into impaired water bodies, and
10 therefore, it must treat these water bodies as a priority
11 and indicate how stormwater controls will be implemented to
12 control pollutants of concerns in these areas.

13 Mass. Highway fails to list any receiving waters,
14 let alone identify those that are impaired stating that
15 outfalls will be inventoried by the end of the permit term.
16 This is unacceptable.

17 Mass. Highway should first, immediately, identify
18 all discharges into impaired waters and then amend its plan
19 to provide for a specific schedule that commits to taking
20 specific actions to control these discharges.

21 Given that so many of Mass. Highway's discharges
22 are into impaired water bodies, Mass. Highway needs to
23 address this issue without further delay.

24 The Mass. Turnpike Authority's proposed BMPs in
25 this area are inadequate in that they lack requisite

1 specificity. For instance, as we pointed out in our written
2 comments, Appendix G for Palmer, Massachusetts, the Quaboag
3 River is listed as an impaired receiving water body. The
4 pollutant of concern in this instance is metals, but the
5 Stormwater Management Plan does not specifically identify
6 any control measures or BMPs that will address the discharge
7 of those metals into the impaired waters.

8 We believe that the Mass. Turnpike Authority
9 should amend its plan to provide for a specific schedule
10 that commits to addressing these types of pollutants of
11 concern.

12 In addition to failing to identify specific
13 control measures for stormwater runoff into an impaired
14 water body, the Mass. Turnpike Authority shifts
15 responsibility to a local city or town to implement these
16 inadequate best management practices.

17 The Mass. Turnpike Authority Stormwater Management
18 Plan provides no evidence, for example, of the legally
19 required agreement by any of the cities or towns that the
20 Turnpike Authority says will implement the BMPs.
21 Furthermore, the plan does not provide any information that
22 may be used to assess the adequacies of such BMPs.

23 Finally, neither Mass. Highway or Mass. Turnpike
24 Authority has adequately addressed TMDL requirements. To my
25 third and, hopefully, final point here, the Mass. Highway

1 and Mass. Turnpike Authority failure, complete failure, to
2 incorporate LID techniques throughout.

3 The Mass. Highway and Turnpike Authority have not
4 adequately incorporated LID in their Stormwater Management
5 Plan, and we think this is especially important, given the
6 water crisis in Eastern Mass. currently. We think that it
7 is not only a good policy and good for the water policy, but
8 also, it is supposed to be, by the general permit, required
9 to be the stormwater management tool of choice.

10 In the general permit, it states that permittees
11 in high or medium stressed basin areas must minimize the
12 loss of annual recharge to groundwater from new development
13 and redevelopment and that all permittees must minimize loss
14 of annual recharge to groundwater to the maximum extent
15 practicable and to address recharge and infiltration for the
16 minimum control measures, as well as any reasons for
17 electing not to implement recharge and infiltration.

18 Specifically, with respect to the Mass. Turnpike
19 Authority, now that they have taken over the Big Dig and
20 with the severe problem of deterioration of foundation
21 pilings in Boston, we think it's very important that they
22 focus on the recharge issue.

23 In conclusion, we believe that the Mass. Highway's
24 and the Mass. Turnpike's plans do not comply with the
25 requirement; therefore, they need to dramatically revise

1 their NOIs in accordance with the comments that CLF has made
2 today and those that we submitted in December to receive
3 coverage under the general permit.

4 Thank you for the opportunity to testify.

5 MR. WEBSTER: Thank you very much.

6 Laura Chan, from the New England Interstate Water
7 Pollution Control Commission, do you wish to speak?

8 MS. CHAN: No.

9 MR. WEBSTER: Kate Bowditch, from Charles River
10 Watershed Association.

11 MS. BOWDITCH: I hope I don't fall in this hole.

12 MR. WEBSTER: Yes. I noticed.

13 MS. BOWDITCH: Good morning. My name is Kate
14 Bowditch. I'm a hydrologist with the Charles River
15 Watershed Association, and I appreciate the fact that EPA is
16 holding this hearing and giving us an opportunity to provide
17 comments on the Notices of Intent submitted by Mass. Highway
18 and the Mass. Turnpike Authority.

19 Charles River Watershed Association submitted
20 comments with Conservation Law Foundation on December 1st of
21 last year, and I will not go through the things that we
22 already said in those written comments in any detail, but I
23 do want to touch on a couple of things, as well as list some
24 specific examples in particular locations where our
25 experience with the Charles River and its watershed revealed

1 some of the issues that I'm going to bring up today.

2 First, and I have some comments that are specific
3 to Mass. Highway, some that are specific to the Turnpike
4 Authority and some that are generally applicable to both
5 agencies. I'll try and make those clear.

6 First of all, just in general, as we all know in
7 this room, stormwater pollution continues to be a major and
8 significant problem in the state of Massachusetts.
9 Stormwater is a major contributor to violations of state
10 water quality standards in many, many waters and throughout
11 the state of Massachusetts, and it's clearly something that
12 federal and state regulations, as well as local and grass
13 roots movements are focused on and are increasingly
14 expecting progress to be made, and we all know that that's
15 going to be an expensive process, but it is one that we need
16 to move forward with, and this permitting process is one of
17 the main and significant tools that we all have to help us
18 move forward with this.

19 There are many, many people across the state and
20 the country who are working hard on the issue of stormwater
21 management. There's a lot of innovative technologies,
22 techniques, management approaches, styles that have been
23 brought to bear on this, and one of the things that the
24 Watershed Association feels is really lacking in these
25 submissions and the information that we've seen to date from

1 the Turnpike Authority and Mass. Highway is a reflection of
2 many of these new approaches that exist out there.

3 We have submitted, as you know, comments on the
4 work of many of the municipalities to deal with this, and
5 some of the municipalities are actually far ahead of Mass.
6 Highway and the Turnpike Authority in terms of their effort,
7 their intensity, their innovation, and it seems particularly
8 inappropriate that our state agencies aren't keeping up with
9 what some of the municipalities are doing, so overall, I
10 think there's a lot of progress that needs to be made.

11 Transportation infrastructure has been, clearly,
12 identified as one of the major contributors to stormwater
13 runoff and stormwater pollution, and clearly, these agencies
14 that have responsibility for stormwater management on the
15 transportation infrastructure in Massachusetts really need
16 to be focusing intensely on this effort.

17 The couple of things that I will touch upon that
18 were in our comments in December, but I think are worth
19 mentioning again at today's hearing. The issue of impaired
20 waterways and discharges from these roadways into impaired
21 waterways is one that really needs a lot more significant
22 attention and one that I know, at least, in the case of
23 Mass. Highway, the Mass. Highway does have experience with
24 focusing on specific areas and does have the capacity to do
25 this, if they choose to do so.

1 I use the example of the Cambridge Reservoir as
2 one where I think Mass. Highway did focus and work very hard
3 on trying to understand and manage their stormwater
4 discharges into the reservoir, but that level of attention
5 has simply not been put into many, many other impaired water
6 bodies, and it needs to be.

7 One specific example that's of great importance to
8 the Charles River Watershed Association and the City of
9 Boston and the residents of the Metropolitan Boston area is
10 the Muddy River. Some of you may know that the Muddy River
11 has had extensive water quality and sedimentation problems
12 leading not only to impairments, habitat loss, perhaps
13 public safety problems and major, major flooding issues as
14 well.

15 There is a significant and ongoing federal, state
16 and local partnership project that is underway to dredge and
17 restore the Muddy River. The main source of sediments to
18 the Muddy River is the storm water system from Boston,
19 Brookline, the Department of Conservation and Recreation and
20 Mass. Highway, which has a major road that crosses Route 9,
21 Route 9 that crosses the Muddy River, as well as the
22 Turnpike, which crosses the Muddy River.

23 It's clearly an area that a lot of people are
24 putting a lot of time and money into, and I know, as a
25 member of the Citizens Oversight Committee, our efforts so

1 far to attract the interest of Mass. Highway and/or the
2 Turnpike in the restoration and trying to understand what
3 stormwater management they may have in place that
4 specifically focused on the Muddy River have not been
5 particularly productive to date.

6 So I think the issue of focusing on specific
7 impaired waters and areas that are either outstanding
8 resources waters or other areas of concern is one that both
9 agencies really need to put some time and effort into in
10 order to comply with the permit, but also in order to really
11 move forward with a successful and effective Stormwater
12 Management Program.

13 Briefly, the IDDE Program, the Illicit (sic) --
14 what are the two Ds? Detection and Elimination, Discharge
15 and Elimination, thank you very much, Program. Basically,
16 the efforts to find and disconnect sanitary connections to a
17 storm drain system are very poorly addressed in, both, the
18 Turnpike Authority and Mass. Highway's programs, and in
19 spite of the fact that these are transportation
20 infrastructure drains, and people probably don't think that
21 they need to focus a lot of attention on sanitary
22 connections.

23 It's our belief anyway that it's a requirement of
24 the permit that they do so, and nevertheless, there are
25 significant areas for, both, Mass. Highway roadways and

1 Turnpike where there's potential for sanitary sewer
2 connections, and the agencies really ought to be focusing on
3 ensuring that such connections don't exist and that there
4 isn't sewage getting into the storm drain system,
5 particularly, areas where the roads pass through residential
6 areas where there's potential for inappropriate illicit
7 connections to storm drains, areas where there are rest
8 areas and other commercial developments and areas where
9 there is significant industrial, commercial or residential
10 sheet flow that flows into the, particularly, Mass.

11 Highway's drainage system, so I think that's an area that
12 really needs a lot more attention than it's gotten to date.

13 And then touching, again, on something that almost
14 everybody who has testified today has brought up, which is
15 the pollution prevention and good housekeeping piece of the
16 Stormwater Management Programs for both agencies.

17 Like all other permitted entities, including
18 municipalities, Mass. Highway and the Turnpike Authority
19 really need to specify their street sweeping and catch basin
20 cleaning and inspection programs with much, much more detail
21 than they have in their submissions to date.

22 What methodology is being used for these
23 inspection and cleaning programs for catch basin management;
24 what kind of a protocol or program do the agencies have in
25 place for replacement and upgrading of these infrastructure

1 elements when they need to be replaced or repaired; is Mass.
2 Highway and is the Turnpike Authority considering and
3 funding the use of new catch basin liners and other types of
4 devices to improve the efficiency of those devices at
5 removing pollutants, particularly, given that sand is one of
6 the major issues of concern here?

7 There's a tremendous amount of technology that is
8 now available to remove sand and to improve the collection
9 of sand back out of the roadway drainage system that should
10 be implemented over time by both agencies.

11 The frequency of street sweeping, again, we fully
12 concur with CLF that an annual street sweeping is totally,
13 totally inadequate. Many of the municipalities are required
14 by federal and state laws to sweep their streets much more
15 frequently. Some of them are sweeping heavily used
16 commercial areas three times a week. DCR is sweeping some
17 of its roadways every day. It's totally inadequate for
18 these two agencies to have an annual street sweeping
19 program, as their stormwater management street sweeping
20 protocol, and it's our position that, if that's the best
21 they can do, it does not meet the requirements of the
22 general permit.

23 The other issue is the data collection and data
24 management protocol. We would like to refer Mass. Highway
25 and the Turnpike Authority to the Department of Conservation

1 and Recreation's newly implemented Data Management Program
2 for their street sweeping and catch basin cleaning and
3 infrastructure management. We think that DCR has put
4 together an excellent program for managing and tracking
5 their stormwater management, and we feel this will be an
6 excellent tool for moving forward, and we highly recommend
7 that the two agencies look at that as a potential model.

8 I would like to reiterate, also, our comments that
9 both agencies need to provide more information on their
10 storage facility management and what BMPs are in place,
11 particularly, at salt sheds and sand storage facilities and,
12 also, for snow dump management. There's a lot of polluted
13 runoff that comes out of snow at a lot of these areas, and
14 there may well be protocols in place for the Turnpike
15 Authority or Mass. Highway, but there isn't information
16 provided, so it's impossible for us to assess the
17 effectiveness of those programs.

18 A couple of specific things I'd like to bring up
19 before I conclude. This regards, specifically, to the
20 Turnpike Authority. Some of the most heavily used portions
21 of the Massachusetts Turnpike, including several large toll
22 and interchange areas, discharge stormwater into the Charles
23 River. All of these discharges are in areas where the river
24 is impaired, and many of the pollutants that the river is
25 impaired for are found in stormwater runoff, specifically,

1 the type of runoff that comes off transportation
2 infrastructure and roadways.

3 Much of this discharge is completely untreated, as
4 far as we can tell. There are pipes from the Turnpike
5 bridges, for example, that release stormwater that hasn't
6 gone through a catch basin or that hasn't had any kind of
7 treatment whatsoever, just a big pipe that's pouring down
8 into the river off the bridge as it crosses over the Charles
9 River. Clearly, this is a violation of any kind of
10 acceptable practice for stormwater management off of a major
11 roadway.

12 There are areas of the pike where similar kind of
13 untreated discharge, for example, comes right down off the
14 portion of the Turnpike that's elevated above the CSX rail
15 yard. The rail yard does have a stormwater management
16 established. They have some kind of an infrastructure
17 established there on the rail yard, but it's not adequate to
18 meet the demands of, both, an overhead major highway and
19 their own rail yard, and clearly, it's the responsibility of
20 the Turnpike to manage their own stormwater and not release
21 it untreated onto the CSX rail yard.

22 Finally -- I thought I had one more specific Mass.
23 Turnpike. I guess I don't here. Basically, our overall
24 position is that, based on the work that we have done, as
25 many of you know, we've been working on evaluating the

1 Notices of Intent for many municipalities, Department of
2 Conservation and Recreation, as well as Mass. Highway and
3 the Turnpike Authority, and certainly, we acknowledge that
4 there may be actions and activities that the Turnpike
5 Authority and Mass. Highway are taking that they perhaps
6 have not reported or expressed in their submissions, and we
7 would welcome the opportunity to meet with them and review
8 these and provide comment and so on, but all of our
9 comments, obviously, and our opinion on the stormwater
10 management protocols that are in place are based on the
11 materials that have been submitted.

12 And I think one of the key things that all of us
13 take away from this experience and this process is realizing
14 how much more effort needs to be put into not only thinking
15 about and managing stormwater, but discussing it, laying it
16 out, showing people what progress is being made and where
17 stumbling blocks have occurred so that we can all work
18 together to try to improve the overall Stormwater Management
19 Programs.

20 Thank you very much for the chance to comment.

21 MR. WEBSTER: Thank you.

22 Jamison Colburn.

23 MR. COLBURN: Good morning. My name is Jamison
24 Colburn. I'm a Professor at the Western New England College
25 School of Law, in Springfield. I teach classes on the Clean

1 Water Act and the Clean Air Act, and before getting into
2 teaching, I was assistant regional counsel for EPA in
3 Region 3.

4 I'd like to just take a couple of minutes this
5 morning to set some legal context, which I think is
6 important to the proceedings this morning, and I wanted to
7 start off with the December 1999 rule that EPA finalized for
8 MS4s, which, as EPA knows, was challenged, and that case in
9 the Ninth Circuit, the Environmental Defense Center versus
10 EPA, invalidated several portions of the rule and remanded
11 it to the agency.

12 In particular, what the Ninth Circuit said was
13 that, in order to receive the protection of a general
14 permit, like the general permit that the region has issued,
15 the operator of an MS4 needs to do nothing more than decide
16 for itself what reduction in discharges would be the maximum
17 practical reduction, that is, the standard, of course, under
18 Section 402 of the Clean Water Act, the maximum extent
19 practicable for any discharger, and this was specifically
20 the part of the rule that the Ninth Circuit invalidated as
21 being inconsistent with Congress' intent.

22 What they said, in particular, was that Stormwater
23 Management Programs that are designed by regulated parties
24 must, in every instance, be subject to meaningful review by
25 an appropriate regulating entity, such as the permitting

1 authority here, EPA, to ensure that each such program
2 reduces the discharge of pollutants to the maximum extent
3 practicable, and as I said, that aspect of the rule was
4 remanded to EPA, and that's why we're here today.

5 I've previously submitted a comment letter to EPA,
6 a letter of December 1st, arguing that this, the Mass.
7 Highway NOI, in particular, and I'd like here now to
8 incorporate the comments of the Watershed Council, the
9 Connecticut River Watershed Council by Andrea Donlon and
10 also the Charles River Watershed Association, the specific
11 comments with respect to Mass. Highway's NOI because I feel
12 that these are not the measurable goals and best management
13 practices that EPA expects of parties submitting these NOIs.

14 And as I said, in my comment letter of December
15 1st, I suggest to the EPA that, under its own regulations,
16 it should take the opportunity to treat the Mass. Highway
17 NOI as an individually permitted discharge, and EPA's
18 regulations, the EPA regulation on point is 4 CFR,
19 Section 122.28(b)(3)(i)(G)(3), and I had to go in search of
20 that regulation, but I think that it's important to bring it
21 out today because of the nature of these best management
22 practices and the nature of the measurable goals that Mass.
23 Higher and, to a lesser extent, I think, the Mass. Turnpike
24 Authority and some others have been submitting.

25 EPA has long maintained that this is an iterative

1 process, and it strikes me that, as an iterative process
2 which, of course, has to start somewhere, this process is
3 inherently compromised when we start off with the sorts of
4 measurable goals and the sorts of best management practices
5 that you see in these submitted NOIs.

6 Even EPA, in the 1999 version of the rule,
7 maintained that the operator's submission must identify, as
8 appropriate, the months and years in which the operator will
9 undertake actions required to implement each of the minimum
10 control measures, including interim milestones and the
11 frequency of periodic actions, and I think this is important
12 to bear in mind when we talk about an iterative process.

13 Secondly, EPA said, again, in its rules in 1999
14 the submitted BMPs and measurable goals become enforceable
15 according to the terms of the general permit. The first
16 permit can allow the permittee up to five years to fully
17 implement the program, but that was in no way intended to
18 mean that we could last out the entire first term of a
19 permit without even identifying discharges.

20 Lastly, what EPA said was that today's rule
21 requires the operator to submit either measurable goals that
22 serve as BMP design objectives or goals that quantify the
23 progress of implementation of the actions or performance of
24 the permittee's BMPs. At a minimum, the required measurable
25 goals should describe specific actions taken by the

1 permittee to implement each BMP and the frequency and the
2 dates for such actions.

3 Now, after he lawsuit challenging this rule, of
4 course, EPA Headquarters sent out to the permitting
5 authorities and, in this case, to Region 1 a memorandum of
6 April 16, 2004, and that was under the signature of James
7 Hanlon, the Director of Office of Wastewater Management, and
8 in this memorandum, Mr. Hanlon did articulate the standard
9 under the Clean Water Act which was the maximum extent
10 practicable standard that each one of the NOIs was supposed
11 to achieve, and he reiterated that the public review of the
12 NOIs was an important, in fact, a critical part of the
13 process for keeping this an iterative process and that
14 public review was supposed to play a role in making the NOIs
15 useful to this end.

16 What he said was, the permitting authority will
17 need to conduct an appropriate review of all Phase 2 MS4
18 NOIs to ensure consistency with the general permit. General
19 permits should, to the extent practicable, specify in
20 objective terms what is expected of the Phase 2 MS4 in order
21 to meet the maximum extent practicable standard.

22 Lastly, I just wanted to point out, in the
23 region's general permit, Part 5 for transportation MS4s,
24 which includes Mass. Highway, that one of the listed minimum
25 control measures, this is in the general permit now, is

1 that the program be evaluated on an annual basis to assure
2 compliance with the maximum extent practicable standard.

3 Again, I'd like to suggest to EPA that annual
4 reviews by a discharger like Mass. Highway, when the NOI
5 uses best management practices and articulated measurable
6 goals, as we see in this Notice of Intent, will,
7 essentially, be a formality at best.

8 I think that's the sum and substance of my
9 comments. I'd like to thank EPA for the opportunity to
10 testify this morning.

11 MR. WEBSTER: Mr. Colburn, there was one reference
12 that I didn't quite catch. About halfway through, you
13 talked about EPA, itself, had operator must include interim
14 measures and milestones in BMP reports. Was that the
15 preamble of --

16 MR. COLBURN: That was in the preamble of the '99
17 rule, correct.

18 MR. WEBSTER: Okay. Thank you.

19 MR. COLBURN: And I have citations, if you'd like
20 them afterwards. Thank you again.

21 MR. WEBSTER: Thank you.

22 Caroline Hampton, do you wish to speak?

23 MS. HAMPTON: No.

24 MR. WEBSTER: Roger Frymire.

25 MR. FRYMIRE: My name is Roger Frymire. I'm a

1 Cambridge resident, not a member of any of these watershed
2 organizations. I'd like to thank the EPA for holding this
3 hearing, and I'd especially like to thank Mr. Barbaro and
4 Mr. McCullough for showing up. It's a vast improvement over
5 what happened at a similar hearing for the DCRs permit.

6 I'll start by saying something good about each of
7 the organizations. First of all, the Web site for the Mass.
8 Highway Department has, both, its NOI and its Stormwater
9 Management Plan posted. That is much better than the
10 Turnpike Authority has managed.

11 And for the Turnpike, I will say that a few months
12 ago, I sent Mr. McCullough some data from water quality
13 testing I'd done for an outfall at the Allston/Brighton rail
14 yards which includes runoff from the Mass. Turnpike. It was
15 a single sample from a storm which I told him showed
16 anomalously high bacteria from what I'd sampled there in the
17 past, and I didn't expect a lot of response to a single
18 sample, but he, at least, made an effort to answer my
19 question on whether there'd been any changes in the drainage
20 system between samples I'd taken four to five years earlier
21 which showed this outfall was clean and the most recent
22 sample. I'd like to thank him for that.

23 My comments, other than congratulatory, are as
24 follows. Three months ago, I sent both of these gentlemen
25 and the EPA my comments in the earlier part of this process

1 on their NOIs and Stormwater Management Programs, and in
2 that three months, I was actually hoping that a few of the
3 simpler things that had to do with the public process and
4 public notification and, specifically, with the information
5 that's on their Web site might be improved.

6 I asked that, beyond just the NOI and Stormwater
7 Management Plan, they consider posting their yearly reports,
8 and I also wanted each of them to post, at the top level of
9 their stormwater Web page, not their entire agency Web page,
10 just at their stormwater Web page, at the top level of that,
11 a contact information for a specific person, a specific Web
12 address and specific phone number so that, when the public
13 sees something they think is wrong, it is moderately easy to
14 find a contact.

15 If you go on to the Highway Department's Web site
16 and read all 200 to 300 pages of their NOI and Stormwater
17 Management Plan, you will, eventually, find a page with some
18 contact information. That is way too deep. And the Mass.
19 Turnpike Authority has nothing of the sort.

20 My last comment has to do with some information
21 that was included in the Mass. Highway Department's comments
22 I sent in earlier which spoke to some specific outfalls
23 along Route 1, in Revere, which the Mystic River Watershed
24 Association had, on multiple occasions, tested as being
25 anomalously high with fecal bacteria. One of them actually

1 has toilet paper visible.

2 And I was hoping that sometime in the last three
3 months, they would see fit to do some of the analysis and
4 elimination part of the IDDE, Illegal Discharge Detection
5 and Elimination. I've already done some of the detection
6 part. I would hope that they would have been working on the
7 last one, the elimination.

8 Thank you very much.

9 MR. WEBSTER: Thank you, Mr. Frymire.

10 That's all the cards that I have, so at this time,
11 I'd ask if there's anybody else that did not get a chance to
12 speak, if they wish to make a statement for the record
13 during the hearing?

14 (No response.)

15 MR. WEBSTER: I'd also ask, I'll give an
16 opportunity if somebody that spoke before and heard
17 something else they want to react to that would like to
18 speak again?

19 (No response.)

20 MR. WEBSTER: Seeing nobody raising their hands,
21 I'd like to thank you for the comments this morning. I
22 think we've heard a lot of thoughtful comments. I
23 appreciate the attention that so many people have given to
24 this, both, from the organizations, as well as from the
25 commenting agency. I think there are a lot of ideas out

1 there, a lot to think about for a challenging, as well as
2 very important, process for EPA, as well as for everybody in
3 this room.

4 Please, be sure that any written comments, that
5 you've submitted to David Gray. Written comments will be
6 accepted until the public comment period closes at midnight
7 tonight, February 17, 2006.

8 I hereby close the public hearing. Thank you.

9 (Whereupon, at 10:25 a.m., February 17, 2006, the
10 above matter was concluded.)

CERTIFICATE OF REPORTER AND TRANSCRIBER

This is to certify that the attached proceedings
in the Matter of:

RE: NOTICES OF INTENT SUBMITTED BY OPERATORS SEEKING
AUTHORIZATION TO DISCHARGE STORMWATER UNDER THE U.S. EPA
NATIONAL POLLUTANT DISCHARGE ELIMINATION SYSTEM (NPDES)
SMALL MUNICIPAL SEPARATE STORM SEWER SYSTEM (MS4) GENERAL
PERMIT

Place: Worcester, Massachusetts

Date: February 17, 2006

were held as herein appears, and that this is the true,
accurate and complete transcript prepared from the notes
and/or recordings taken of the above entitled proceeding.

Jody Perkins
Reporter

February 17, 2006
Date

Susan Hayes
Transcriber

February 28, 2006
Date